

UNITED STATES DEPARTMENT OF AGRICULTURE

FOOD SAFETY AND INSPECTION SERVICE

+ + + + +

PRODUCTION VOLUME AND ITS ROLE  
IN RISK-BASED INSPECTION

+ + + + +

A CHARGE FROM FSIS: QUESTIONS FOR  
CONSIDERATION IN BREAKOUT SESSIONS

+ + + + +

CONFERENCE CALL BREAKOUT

+ + + + +

April 25, 2007  
10:45 a.m.

George Mason University  
Arlington Campus  
Room 244  
3401 Fairfax Drive  
Arlington, Virginia 22201

MODERATOR: MR. MARK SCHAD  
Schad Meats, Inc.

PARTICIPANTS:

DR. DANIEL ENGELJOHN, OPPERD  
MS. JANELL KAUSE, OPHS  
MR. ROBERT TYNAN, OPPEO

**Free State Reporting, Inc.**  
1378 Cape St. Claire Road  
Annapolis, MD 21409  
(410) 974-0947

## PARTICIPANTS :

MS. PATRICIA BUCK  
MR. RON FOUCHE  
MR. LAMAR HENDRICKS  
MS. BARBARA KOWALCYK  
MR. KEN MASTRACCHIO  
MR. JOEL POESA  
MS. HEATHER ROLLA  
MS. SHARBACH  
MS. CAROL TUCKER-FOREMAN

## I-N-D-E-X

<u>AGENDA ITEM</u>	<u>PAGE</u>
Overview of Assessing Risk: The Value of Volume Data Janell R. Kause, FSIS, OPHS	4
Overview of Collection of Volume Data Daniel Engeljohn, FSIS, OPPEd	7
<b>A Charge from FSIS: Questions for Consideration in Breakout Sessions</b>	
1. What are the advantages and disadvantages of each approach?	13
2. Are there changes that you would make to each approach to make it more effective?	23
3. What specific records should the inspectors use to approximate production volume for these various product categories in these approaches?	26
4. Do you have other suggestions for how to factor in exposure into assessing the risk presented by an establishment?	45

## P-R-O-C-E-E-D-I-N-G-S

(10:45 a.m.)

DR. KAUSE: It's really important to have a common understanding of the terminology so that we're all on the same page and can provide the best input as we have a dialogue on this particular issue.

Risk is a function of both hazard and exposure. With that said, what that means is if you are -- in the case of hazard, hazard is the noun. It's the agent that's causing the illness. Exposure, in the case of food safety, is the likelihood of ingesting that particular hazard. For example, if you're consuming a food that doesn't have the hazard there, then you're not at risk. Same, if the food has the hazard present, but you don't eat that food, you are not at risk.

So in looking at the exposure side of this risk assessment equation that we normally use and is widely recognized by the National Academies of Science as well as Codex, exposure has two components to it. Exposure is both the likelihood and amount of hazard in a single serving of food. It is also the number of

1 servings produced. The likelihood of a hazard in a  
2 single serving of food is the per serving risk. The  
3 number of servings give us a population risk.

4 For risk-based inspection, it's pretty  
5 understandable that there would be a variation in the  
6 public health risk posed by the products and  
7 processes, whether we're looking at ground beef,  
8 chicken breasts or ready-to-eat meat and poultry  
9 products.

10 When we look at the risk associated with the  
11 products that are being produced and put out there  
12 into commerce, we're actually looking at the per  
13 serving risk, the likelihood of contamination of a  
14 serving of food. This is impacted by the product  
15 type, which has an effect on the survival and growth  
16 of a hazard in a food. We look at process, the time  
17 and temperature that would influence the growth of the  
18 hazard in food. We look at interventions which  
19 influence whether or not the hazard can be mitigated,  
20 reduced or altogether eliminated, and we have  
21 compliance data that provides actual empirical  
22 evidence of what is going on in that particular

1 establishment.

2           With that said, a large producer who  
3 produces product that has a low likelihood of  
4 contamination in his product may be less risky than  
5 one that's smaller and has a lower production volume  
6 but it has a higher likelihood of contamination. It's  
7 the likelihood of contamination that actually is  
8 driving the risk. The volume is there to adjust that  
9 to give us an idea of how much hazard is being  
10 introduced into the marketplace and consumed by our  
11 consumers.

12           What I'm asking folks here today to think  
13 about is, the debate is not whether or not we should  
14 use production volume. The -- has to use production  
15 volume, is an integral part of assessing risk. The  
16 question really is how do you appropriately and  
17 scientifically weight production volume so that it's  
18 used in a way that measures population risk without  
19 overwhelming the likelihood of contamination thinking?

20           MR. TYNAN: Thank you, Janell. And I'm  
21 going to ask Dr. Engeljohn to give you his 50 cent  
22 version of his earlier presentation.

1 DR. ENGELJOHN: Thank you. I'm Daniel  
2 Engeljohn with the Office of Policy, and I gave an  
3 overview about how we, the Agency, currently collect  
4 information within the establishments relative to  
5 volumes. I gave an overview about the OMB approval  
6 process in which we seek approval from OMB through the  
7 1995 Paperwork Reduction Act process, in which we  
8 itemize what it is that we need from industry, why we  
9 need it, who all is affected, how much time it would  
10 take to collect the information and then provide  
11 regular updates to OMB as to a justification as to why  
12 we need to continue collecting information in this  
13 way.

14 One issue with the OMB approval is that it  
15 is something that the Agency has traditionally not  
16 been successful in getting approval to survey  
17 establishments regarding various activities simply  
18 because we do have inspectors in every establishment  
19 who would be able to make general or relative  
20 estimates about the types of information that we are  
21 seeking.

22 I gave the overview about the OMB approval

1 for the *Listeria monocytogenes* regulation that we have  
2 in place in which through the regulation, we sought  
3 approval to have OMB approval to collect specific  
4 information about the production process and the  
5 effectiveness of the interventions used to control  
6 *Listeria* in very specific exposed post-lethality  
7 product. That approval process is one for which we  
8 have to get re-approval each year, and the industry  
9 is required by regulation to provide us some very  
10 specific information.

11 As an alternative to that, the Agency is  
12 able to use the scheduling process through our  
13 performance-based inspection system to ask questions  
14 of the inspector with regards to filling out the  
15 establishment profile related to types of products  
16 produced and the amount of products produced. And we  
17 did that in December. We asked questions about 19  
18 product categories, and these categories can be  
19 modified at anytime. At that time we had a need  
20 amongst the Office of Policy, the Office of Food  
21 Defense, the Office of Public Health Science and the  
22 Office of International Affairs, to collect specific

1 information about a variety of products for a number  
2 of different activities within the Agency including  
3 risk-based inspection.

4           Those 19 categories of products, we ask the  
5 inspector to identify whether or not the products were  
6 produced, how much was produced and we gave ranges for  
7 the inspector to make a selection from in order to  
8 parse out the aggregate differences that may occur in  
9 the establishment. And then we asked them to make  
10 that estimate of approximately poundage over the  
11 course of the last 30 days.

12           This would be the type of thing that the  
13 Agency would expect the inspector to update at anytime  
14 in which substantial changes occur within the  
15 production practices of the establishment. And for  
16 purposes of the Agency, this type of information is  
17 sufficient for purposes of making general estimates.

18           And then I gave an overview about our  
19 response rate which was 96 percent of the  
20 establishments, the inspectors in those establishments  
21 did submit a response, which we think is an extremely  
22 high response rate from most surveys of this type that

1 we ask of the inspection force.

2 We did quality control in that if there were  
3 questions or inconsistencies in the answers, we had a  
4 group of individuals who followed up with the district  
5 managers and with the inspectors in those operations,  
6 to clarify the responses that were given.

7 And then I just provided an overview about  
8 the differences between the HACCP size category in  
9 terms of production volume. The larger plants do, in  
10 fact, produce the most amount of product, and that we  
11 have a fairly large number, 14 percent of the  
12 establishments produce multiple, in this case, more  
13 than five different types of the products on that  
14 category listing.

15 And so that was the overview that I gave. I  
16 made it clear that this kind of information is more  
17 than sufficient for purposes of making general  
18 estimates, and then provided some overview about how  
19 we can use that information in the future. Thank you.

20 MR. TYNAN: Again, I want to apologize for  
21 the folks that are on the phone for the delay and the  
22 technical glitch we had earlier this morning and for

1 getting you on the conference call.

2 I mentioned to the group earlier that  
3 Mr. Schad had offered to be the Chairperson of this  
4 group and, Mark, are you there?

5 MR. SCHAD: Yes, I am, Robert.

6 MR. TYNAN: Okay. Mark, I think you  
7 indicated that you were going to be able to handle the  
8 conference call with the help of the Operator. Do you  
9 need any assistance from us?

10 MR. SCHAD: No, I don't believe so. Just  
11 for the benefit of everybody else, I do have an open  
12 line. So I'll be able to speak up at anytime, and I'm  
13 going to be taking notes on my end. Do I have a note  
14 taker there, Robert?

15 MR. TYNAN: We can get one for you if you'd  
16 like.

17 MR. SCHAD: It might be good if possible.  
18 If not, I can do without. If we had another note  
19 taker, it might be good.

20 MR. TYNAN: Okay. We'll get a note taker in  
21 to make sure that we double up and again, you have  
22 until about 11:45 Eastern.

1 MR. SCHAD: Okay.

2 MR. TYNAN: And again, I appreciate you  
3 doing this for us, and I'll turn it over to you and  
4 get a note taker in the meantime.

5 MR. SCHAD: Okay.

6 MR. TYNAN: So we're going to leave you live  
7 so that we can hear your discussion here. Everyone  
8 has gone to another room, but I'm afraid if we turn  
9 the sound down, we may lose you again, and I don't  
10 want that to happen. So we're going to keep you on  
11 line.

12 MR. SCHAD: Okay. And for the people on the  
13 call here, as Robert said, we have a limited amount of  
14 time. So we have four questions. So I'm really going  
15 to have the clock on us, so we don't run over on each  
16 question, and if I cut in, I want everybody to have an  
17 opportunity to make their comments, but if you talk  
18 for what I believe is a little bit too long, like I  
19 said, I want everybody to have an opportunity. So if  
20 I cut in and ask you to kind of finish up your comment  
21 so we can move onto somebody else, I apologize up  
22 front. I don't mean to be impolite, but I do want to

1 give everybody the opportunity and I think it would be  
2 good if we got through all the questions.

3           So with that, Operator, I am ready and we'll  
4 do question one, of course, to start out with, and  
5 that is "What are the advantages and disadvantages of  
6 each approach?" That being as far as the previous  
7 one, as of April 2nd of three levels or the one  
8 presented by Don Anderson today, the Nona Matrix  
9 Approach.

10           OPERATOR: And all lines are muted. So if  
11 anyone has a question or comment, they will need to  
12 press \*1. Otherwise, if you'd like me to, I can open  
13 all the lines at this time. Would you like to just  
14 take questions one at a time, sir, or open all lines  
15 so everyone --

16           MR. SCHAD: Let's just take them one at a  
17 time.

18           OPERATOR: Okay.

19           MR. SCHAD: I'd like them to identify  
20 themselves and their affiliation.

21           OPERATOR: Okay. Carol Tucker-Foreman, your  
22 line is open.

1 MS. TUCKER-FOREMAN: Thank you very much. I  
2 have a question of Dan, and that is, do you have the  
3 OMB approved instrument kind of data for anything  
4 other than your nine types of RTE products? Do you  
5 have -- is all of your data on raw ground beef from  
6 the PBIS extension?

7 MR. SCHAD: Dan, are you there?

8 (No response.)

9 MR. SCHAD: Carol, maybe Dan is not there.

10 MR. TYNAN: I'm sorry. Dan has gone. I  
11 apologize. Janell was calling your attention -- I  
12 thought you were having your dialogue. No, Dan has  
13 gone to one of the breakout rooms here and is going to  
14 be wondering around. Is there a question or perhaps  
15 something that we can --

16 MR. SCHAD: Carol had a question for Dan.  
17 Apparently he's not there. So the question was, is  
18 there an OMB instrument other than for the nine RTE  
19 products?

20 MR. TYNAN: Okay. Maybe we have somebody  
21 else who can answer it.

22 MR. SCHAD: If not, we'll just move along to

1 the next person who wants to make a comment.

2 DR. KAUSE: Hi, Carol. Actually here's Dan.  
3 He can answer that.

4 MR. SCHAD: Okay.

5 DR. KAUSE: Dan, you received a question --

6 DR. ENGELJOHN: The OMB survey -- this is  
7 Dan Engeljohn. The OMB survey is one for which we ask  
8 for specific approval from OMB, and we actually go  
9 through the Federal Register to make it known that  
10 we're going to collect the information. We identify  
11 all the parameters of what we're asking and why we're  
12 asking it, and how many people are affected, how long  
13 it will take to complete the survey. And then there's  
14 an opportunity for the public to comment on whether or  
15 not the survey can be enhanced or improved or modified  
16 or to give stakeholders the opportunity to express  
17 their opinion about FSIS collecting the information.

18 So that's a very formal process that we go  
19 through the Federal Register to get public input. And  
20 we, for purposes of collecting volume information,  
21 really the only specific OMB approval that we have  
22 presently is one which is directly related to 9 Code

1 of Federal Regulations, Section 430, which deals with  
2 post-lethality exposed ready-to-eat products. And, it  
3 asks questions about the various types of deli meats  
4 and other ready-to-eat products. It asks which  
5 alternative for the *Listeria* control is used, how  
6 frequently the establishment conducts environmental  
7 food contact and product sampling, and it asks  
8 questions about the intervention and level of  
9 effectiveness.

10 We have to go through each year to get re-  
11 approval of that and industry is required to submit  
12 information on an annual basis.

13 We do not have approval from OMB to collect  
14 the same kind of information on any other process, and  
15 that is why we use the inspectors-in-charge in every  
16 establishment that's regulated to make general  
17 estimates about the types of products. And so ground  
18 beef and beef manufacturing trim were 1 category of  
19 the 19 that were asked about in our December  
20 production volume profile extension survey. I hope  
21 that answers the question.

22 MS. TUCKER-FOREMAN: Thank you.

1 MR. SCHAD: Thank you, Dan. And if we  
2 could, let's make our comments to specifically start  
3 to answer each question please.

4 OPERATOR: Ron Fouche, your line is open.

5 MR. FOUCHE: My question was really of Dan.  
6 He used a figure of 14 percent for multi-products  
7 within the companies. That was a little surprising to  
8 me. I'll touch base with Dan later. It's not really  
9 important today. I don't have another comment at this  
10 time. Thank you.

11 OPERATOR: Barbara Kowalcyk, your line is  
12 open.

13 MS. KOWALCYK: I have a quick question for  
14 Dan. I know you said that we don't have OMB approval  
15 for other products, but is FSIS looking to get more  
16 OMB approval to collect the type of data that it needs  
17 to determine volume for RBI?

18 DR. ENGELJOHN: This is Dan Engeljohn, and I  
19 think I heard that question which was are we going to  
20 seek approval for OMB for the type of information that  
21 we need for RBI? And as I tried to make clear in the  
22 presentation, the OMB approval process is a multiple

1 month and in some cases a year long or longer effort  
2 to get the information after we have justified why we  
3 have to ask industry to provide that information as  
4 opposed to collecting general information that we can  
5 get through our inspection force. And by regulation,  
6 the *Listeria* rule is the only production process  
7 recordkeeping approval that we have that's specific to  
8 production volume. That's the only one that we have  
9 been able to get approval for. So that's the reason  
10 why we use the PBIS profile extension for other  
11 information for which approximations are sufficient.

12 MS. KOWALCYK: Okay. I'm just a little  
13 concerned because the inspectors are strapped, you  
14 know, basically as it is and -- I think it would  
15 probably be useful to maybe look down the road to  
16 getting that type of approval. I know it's timely and  
17 difficult -- meantime but, you know, getting better  
18 data.

19 OPERATOR: Thank you. Patricia Buck, your  
20 line is open.

21 MS. BUCK: This is Pat Buck from Center for  
22 Foodborne Illness, Research and Prevention. And my

1 question is a little more general because I'm looking  
2 at the whole model and one of my questions would be is  
3 there going to be some type of linkage between the  
4 industry or FSIS testing program to what we're doing  
5 with volume. In other words, will there be a method  
6 in our risk-based inspection formula that will allow  
7 when a negative test result for whatever product it is  
8 comes back, you know, for whatever pathogen, will we  
9 then have a method by which we can say, whoa, we have  
10 a problem here and we need to weight the volume a  
11 little heavier. And since I didn't hear all of the,  
12 you know, conversations that were going on with the  
13 presentations, I don't know if that was kind of  
14 addressed?

15 MR. TYNAN: Excuse me. Can I interrupt?  
16 This is Robert Tynan, and I was moderating the meeting  
17 earlier. I just want to remind everybody that we're  
18 supposed to be focusing specifically on the questions.  
19 I know there are some things that you need to have  
20 clarified.

21 MS. BUCK: Yeah.

22 MR. TYNAN: Dan needs to go around to the

1 other sections. So for all of you, and to help Mark  
2 out so that he has something to report, come 45  
3 minutes from now, that we focus on the questions, the  
4 advantages and disadvantages. And if there are  
5 issues --

6 MS. BUCK: You're absolutely right, and that  
7 would be if we don't have that brought in, that would  
8 be a disadvantage of what we have --

9 MR. SCHAD: Okay. Barb, I'm sorry, I mean  
10 Pat. Will you restate that disadvantage and then  
11 we'll get that down.

12 MS. BUCK: What my concern is, is that does  
13 this program have any linkage between the industry or  
14 FSIS testing program for whether it's *Listeria*, *E.*  
15 *coli* or *Salmonella*, okay.

16 MR. SCHAD: Okay.

17 MS. BUCK: And if we don't have a linkage  
18 between that data and how we are applying, you know,  
19 our weight to volume, should we put one in place?  
20 Because I think we should and I think that perhaps  
21 that has to be clarified.

22 MR. SCHAD: Okay. Thanks, Pat. I think

1 that's a good point, and for the benefit of everybody  
2 here, let's just say I have, this is an advantage or  
3 this is a disadvantage to each approach here, and then  
4 we're going to have to move along here or we'll never  
5 get done.

6 OPERATOR: Lamar Hendricks, your line is  
7 open.

8 MR. HENDRICKS: Thank you. Mark, good  
9 morning. I have a question or a comment rather on raw  
10 meat and that is in the calculation of assessing risk,  
11 the volume was for practice considered that raw meat  
12 is ultimately cooked and when you're taking about per  
13 serving basis, is that factor considered when you look  
14 at volume that goes out of a plant versus the fact  
15 that there's a yield off? I don't know whether that's  
16 an advantage or disadvantage but --

17 MR. SCHAD: Okay. But I believe I  
18 understand what you're saying, Lamar, and I think  
19 that's a good point. So thank you for that. Did you  
20 have something else, Lamar?

21 MR. HENDRICKS: Not right now, Mark.

22 MR. SCHAD: Okay.

1 OPERATOR: Once again, \*1, if anyone has a  
2 disadvantage or an advantage please.

3 MR. SCHAD: Okay. I'm going to jump in here  
4 with a comment. I kind of like the Nona Approach  
5 because I always -- when I was looking at it, I  
6 thought that was a lot more descriptive of describing  
7 a plant. When we talk about this Level 1, Level 2 and  
8 Level 3, Level 3 can mean a lot of things. Is it a  
9 plant that's making a high-risk product or is it a  
10 plant that has poor risk control measures? There's  
11 always going to be -- if we do it that way, we're  
12 always going to have a vague sense of what's going on.  
13 So that is my comment as far as an advantage on the  
14 Nona Matrix.

15 OPERATOR: Someone has queued up. Ken  
16 Mastracchio, your line is open.

17 MR. MASTRACCHIO: Yes. Hi, good morning. I  
18 was hoping to be there this morning but unfortunately  
19 some other issues arose but thanks for having me on  
20 the teleconference.

21 One of the things that I wanted to bring up  
22 was the advantages I believe to risk-based inspection.

1 I think it would lend more toward a more consistent  
2 and uniform type of a verification of the food process  
3 systems that we have and maybe relieve some of the  
4 subjectivity that we have that kind of leaps in from  
5 the old traditional command and control type of  
6 inspection. And I believe that would be a tremendous  
7 advantage.

8 I'd also like to state, too, my support for  
9 and with Joe Harris and his discussion today on  
10 volume, as volume should be calculated in regards to a  
11 plant's ability to control their process and not have  
12 it linked to inherent risk. Thank you very much.

13 MR. SCHAD: Okay. Thank you. I think in  
14 the interest of time, unless there's some more  
15 comments for question number 1, let's move to question  
16 2, which is "Are there changes that you would make to  
17 each approach to make it more effective?"

18 OPERATOR: Sir, we had a few parties queue  
19 up from the prior question.

20 MR. SCHAD: Okay. That's fine.

21 OPERATOR: Ron, your line is open.

22 MR. FOUCHE: Thank you. I liked -- sort of

1 liked Joe's approach quite frankly to it. I think the  
2 advantage there, although the algorithms themselves  
3 may not make a lot of sense to most people, I think  
4 Joe's approach to it makes a lot more sense. The, I  
5 wouldn't say flexibility but the ability to have more  
6 variety in there seems to make more sense at that  
7 point for both the large and the small. And obviously  
8 the very first one was that they -- being in April,  
9 was poor at best. And I think this is a much  
10 better -- Joe's is a much better approach at this  
11 time. Thank you.

12 MR. SCHAD: Thanks, Ron.

13 OPERATOR: Barbara Kowalcyk, your line is  
14 open.

15 MS. KOWALCYK: Yeah, I guess because I  
16 missed out earlier, I'm not clear what Joe's approach  
17 is, but the question I have, I guess comment is last  
18 fall there was a lot of talk at the public meeting  
19 both from industry and consumer groups about having  
20 volume as a third axis, and I was just wondering what  
21 had happened to that discussion.

22 Not only that, you know, FSIS is trying to

1 do a data driven system, and I'm a little concerned, I  
2 just caught the tail end of Don Anderson's comments,  
3 concerning the -- you know, that they were changing  
4 the algorithm almost daily, and that certainly implied  
5 that they're not using the data to drive this and I  
6 was wondering about that. And so I don't know exactly  
7 what Joe's algorithm is and maybe I'm confusing  
8 something else, but I think that, you know, using  
9 volume as a third axis makes a lot more sense than  
10 putting it in product inherent risk.

11 MR. SCHAD: Barb, this is Mark. Would you  
12 say that would be something we could fit in as far as  
13 a response to question number 2?

14 MS. KOWALCYK: Yes.

15 MR. SCHAD: Okay. Thank you.

16 OPERATOR: Once again, \*1 if anyone has an  
17 answer to the question.

18 (No response.)

19 MR. SCHAD: Any comments for either question  
20 1 or 2?

21 OPERATOR: Once again \*1 at this time.

22 MS. JOHNSON: Mark?

1 MR. SCHAD: Yes. Hello.

2 MS. JOHNSON: Yeah, this is Sheila. I'm in  
3 the room. I'm supposed to be taking notes.

4 MR. SCHAD: Yeah.

5 MS. JOHNSON: Were you going to tell me at  
6 what point you wanted me to write down anything or are  
7 we going to do that as you wrap up?

8 MR. SCHAD: As we wrap up, Sheila.

9 MS. JOHNSON: Okay. Thanks.

10 MR. SCHAD: Thank you.

11 OPERATOR: No one has pressed \*1, sir.

12 MR. SCHAD: Okay. Thank you. Let's move  
13 onto question 3 and that is, "What specific records  
14 should the inspectors use to approximate production  
15 volume for the various product categories in these  
16 approaches?"

17 OPERATOR: Ken Mastracchio, your line is  
18 open.

19 MR. MASTRACCHIO: Yeah, hi, Mark. In  
20 regards to question number 2 with changes, I know a  
21 comment was made earlier about, you know, this  
22 algorithm seems to be changing all the time but as far

1 as an approach though, the one concern I had was with  
2 the algorithm that it be as simple and as transparent  
3 as possible. I guess that's more of a comment, but  
4 like I say, if this thing keeps on changing, as we  
5 meet each time, and that's not a bad thing. I think  
6 it's getting more refined and it's getting better as  
7 we get more input. Thank you.

8 MR. SCHAD: Okay. Yes, thank you.

9 OPERATOR: Once again, \*1 to answer the  
10 question.

11 MR. SCHAD: Any comments on question number  
12 3?

13 OPERATOR: Carol Tucker-Foreman, your line  
14 is open. Carol, please press your mute button.

15 MS. TUCKER-FOREMAN: I'm sorry. I assume  
16 you're dealing with question 3 now?

17 MR. SCHAD: Yes, Carol, that's correct.  
18 This is Mark.

19 MS. TUCKER-FOREMAN: I have a concern, and I  
20 think it was expressed as well by Barbara Kowalcyk,  
21 that it's hard to have a data driven system when you  
22 don't have data, the inspectors have a very hard time

1 conducting all of the activities they're supposed to  
2 conduct now and I don't believe that the data that  
3 they collect under the best of circumstances is the  
4 best data that you could have on something for example  
5 as important as ground beef. What we need, in fact,  
6 is instead of relying on the inspectors to provide  
7 this information, FSIS needs to have this information  
8 from the plant directly on a continuing basis. I know  
9 that's hard to get but you're talking about the safety  
10 of our food, and we continue to have a problem when  
11 FSIS says it's too hard for us to get the data that we  
12 need. So we're going to use the data that we have.  
13 We just don't think that's acceptable.

14 MR. SCHAD: Thanks, Carol, and I'm going to  
15 jump in and make my comment now and I seem to agree  
16 with you on this one, Carol, because I don't see  
17 anything wrong with getting verification from the  
18 plant management on the production volume. I think  
19 that can only help and not hurt. Maybe an inspector  
20 would want to do his PBIS extension and put down what  
21 he believes to be the production volume, but I see  
22 nothing wrong with him going to plant management and

1 saying this is what I've got down, can you verify this  
2 figures for me and thanks for that.

3 OPERATOR: Ron, your line is open.

4 MR. FOUCHE: Thank you. I think again John  
5 indicated that 96 percent they had a response from.  
6 Now I know what happened in our facility and I know  
7 what happened in quite a few of the facilities I'm  
8 aware of. The inspectors don't know the first thing  
9 about production for all practical purposes. So I  
10 wonder where they get it from? They get it from the  
11 plant, and I can't help our friends at the political  
12 side, at OMB, in what they want to do, we get too dang  
13 much paper as it is today, but this is one of the  
14 things that I happen to agree with Carol, this  
15 particular point, that, you know, the information can  
16 be gotten.

17 Quite frankly, in all due regard, the  
18 inspectors are not that busy. They can do it. They  
19 can sit down with management. If management just  
20 decides not to share that information, that's a  
21 different story. They really can't do anything about  
22 it but I don't know of anybody that's not willing to

1 share, if nothing else, the approximate amount, the  
2 technical side as well, what do you make, what do you  
3 ship? Well, that's almost irrelevant. You're going  
4 to make whatever you have a -- of the product, a  
5 little shrinkage, that's not it. We're looking at  
6 approximate pounds and I think that information is all  
7 available and if this is going to help us in such a  
8 way, in my opinion, that industry would not support  
9 this type of thing if all we on the association side  
10 would say, hey, give them the help, give them the help  
11 if they need it. Thank you.

12 MR. SCHAD: Thank you, Ron, and I'm going to  
13 just say this. It seems like we had three people here  
14 agree on something. Can somebody jump in if they  
15 disagree with that? If not, maybe we can come to a  
16 consensus on this question.

17 OPERATOR: Barbara, your line is open.

18 MS. KOWALCYK: I actually jumped in. I  
19 don't disagree. I actually agree, and I think, Mark,  
20 I believe it was you who suggested that having done in  
21 a way with the inspector's report, when if at all  
22 possible, the plant would report it to FSIS, I think

1 that's an excellent idea because I feel that it's  
2 basically following a control validation type  
3 technique that FSIS could then go ahead and try to  
4 verify the data and how accurate the data is. If they  
5 get different estimations from the plant versus the  
6 inspectors, that might raise a question as to whether  
7 or not the inspector has a good idea of what's going  
8 on, whether it was a typo or so forth.

9           So I think that that's an excellent idea.  
10 Sorry I jumped in when you wanted someone to disagree  
11 but I agree completely. Thanks.

12           MR. SCHAD: Thanks, Barb.

13           OPERATOR: Ms. Sharbach, your line is open.

14           MS. SHARBACH: Yes, I sort of jumped on  
15 before. I concur with what's going on with this  
16 assessment. I think the question I wanted to pose if  
17 we are finished with this though, is the question was  
18 what are the specific records, you know, should  
19 inspectors use to assess the volume or what do we  
20 think are those records?

21           And I again go back to this list that was  
22 put out by the, you know, exposure, the product

1 support, the survival and growth of the pathogen. Are  
2 these the types of things we should be talking about,  
3 the interventions? Is that whole program, the  
4 testing? Because I think when they look or think  
5 about volume, some of the recordkeeping that needs to  
6 be maintained are the things that would cause them to,  
7 you know, say that volume is important because of the  
8 problems with exposures, and that would be pathogens.  
9 So are these part of the records we should, you know,  
10 be addressing in this question is my question?

11 MR. SCHAD: Okay. Thank you. I don't know  
12 if someone is in the room who can answer your question  
13 or not. Maybe we can just move on and get that answer  
14 later.

15 OPERATOR: Barbara Kowalcyk, your line is  
16 open. Barbara, your line is open.

17 MS. KOWALCYK: Sorry. I think Pat brought  
18 up a good point, and that is you need to first of all  
19 define what you mean by volume. Okay. It's pretty  
20 clear to me from looking -- that volume could be  
21 interpreted different ways. So when they start  
22 looking at data, I was told that FSIS -- agreed upon

1 definition of volume means, what's shipped, what's  
2 moved, you know, -- thanks.

3 MR. SCHAD: Okay. I just want to make sure  
4 I'm clear on this, Barb. So you're getting at the  
5 specific records we should look at.

6 MS. KOWALCYK: Right. And you need to  
7 have -- you can't just say to the plant, tell me how  
8 much volume, you know, how much product you move. You  
9 need to actually sit down and define what you mean by  
10 volume because it's pretty clear to me that, you know,  
11 somebody might interpret volume as what was shipped,  
12 you know, is it an aggregate over a period of time?  
13 Is it, you know, a medium? Are you talking about the  
14 average for a 30-day period? What are you talking  
15 about specifically? You want everybody on the same  
16 page because otherwise your data analysis could be  
17 skewed.

18 So, you know, it just seems to me listening  
19 to people talk here today that -- I certainly don't  
20 remember the gentleman who spoke earlier. He raised  
21 it up, you know, is it the pre-cooked weight or, you  
22 know, the post-cooked weight. I think that was one of

1 the points he brought up. Is that correct?

2 MR. SCHAD: Yeah, Barb. This is Mark, and I  
3 think that was a point he was bringing up, and to make  
4 sure I capture your thought here correctly, you're  
5 talking about as far as the records be consistent and  
6 actually have some parameters set.

7 MS. KOWALCYK: Well, you have to define  
8 volume, you know, what do you mean by volume? So that  
9 when you ask Plant A and they give you an answer and  
10 they're listing volume to be what was produced, and  
11 Plant B is interpreting it what was shipped and Plant  
12 C interpreted it as what is the cooked weight or  
13 whatever we talked about. Because then when you go to  
14 analyze the data, it's really not -- right. And so,  
15 you know, sometimes when you have a lot of confusion  
16 over a definition, it's simple. You just come up with  
17 a definition and say we're talking about volume, this  
18 is what we mean, and then collect the data based on  
19 that definition. It will be helpful for inspectors as  
20 well because, you know, it'll give everybody, you  
21 know, you're giving your best estimate based on this  
22 specific definition of volume.

1           MR. SCHAD: Yeah, Barb, I think that's a  
2 point well taken and just from my personal experience,  
3 a lot of guys you'll ask, well, how much are you  
4 producing and they tell you how many combos they  
5 bought that week. So I think it's a point well made.

6           MS. KOWALCYK: Right. In terms of -- I just  
7 don't want to see FSIS go off and start collecting  
8 data and really they have to sit down and think about  
9 the nitty-gritty of what they're collecting. I mean  
10 age is a perfect example. How do you calculate age?  
11 Some people take today's date minus the birth date as  
12 age. Some people take today's date minus the birth  
13 date plus 1 as age. You know, people can calculate  
14 things differently, and it might be insignificant but  
15 it might be significant when it comes to doing the  
16 data analysis involved and everybody's not on the same  
17 page.

18           MR. SCHAD: Absolutely, Barb.

19           MS. KOWALCYK: All right. Thank you.

20           MR. SCHAD: Thank you.

21           OPERATOR: The next question comes Ken  
22 Mastracchio. Your line is open.

1           MR. MASTRACCHIO: Yeah. Hi, Mark. Maybe  
2 I've been in this industry a little too long, but  
3 about 20 years ago, the Agency used to collect what  
4 they called and MP404 which was a weekly production  
5 and in that sheet, there was product categories and  
6 plant management would enter in the volumes of those  
7 product categories and that would get handed into the  
8 inspector. And in turn, that would go to Headquarters  
9 I don't know exactly what they did with that but there  
10 was that system in place at that time.

11           MR. SCHAD: Yeah, I do remember that, Ken.  
12 So thanks for your comment. So I don't know if that's  
13 something we could go back to or not, whether it's  
14 something that the form is still approved or not. So  
15 thank you for that.

16           MR. MASTRACCHIO: Okay.

17           OPERATOR: Our next question comes from  
18 Patricia Buck.

19           MS. BUCK: Hello. This is Pat Buck again,  
20 and while I agree 100 percent with, you know, what  
21 Barbara was talking about as to identifying volume,  
22 what I was trying to get more to is getting back a

1 little further in the how do we -- what type of  
2 assurances will this Nona Matrix have for showing if  
3 there is any difficulties with the product. In other  
4 words, something has changed. They found a test  
5 result or a new intervention has been put in place  
6 that would lower risk. Is this volume matrix going to  
7 be able to incorporate that so that we can, you know,  
8 make the change? It's not clear to me and maybe it's  
9 because I didn't hear the whole presentation, but I  
10 don't understand how we're going to be able to get to  
11 use this in a flexible model. And I don't know if  
12 that's as a result of, you know, the specific records  
13 that we should be keeping on it.

14 I mean is it important for the  
15 microbiological testing, whether it's done by FSIS or  
16 by industry. Does that information, will it have an  
17 impact on how we are going to be weighting volume for  
18 that, you know, for that particular establishment when  
19 it's discovered? Just like if the establishment puts  
20 in a brand new intervention, how are we going to go  
21 about incorporating these two to adjust the volume?  
22 Does that make sense to anybody out there?

1 MR. SCHAD: Pat, this is Mark. I understand  
2 your question. I don't know the answer to it. I  
3 guess yesterday was the first time I looked at this  
4 Nona Matrix and I don't know whether they know how the  
5 algorithm would affect the Nona Matrix. I don't know.  
6 Does somebody else want to make a comment on that?

7 (No response.)

8 MR. SCHAD: Okay. This is Mark again. I  
9 think that's maybe a question if everybody is okay  
10 with that, we can pose or put that down as a comment  
11 somehow in the report. Here's another suggestion. We  
12 can put it in as a disadvantage, Pat. I'm just going  
13 to ask you that question.

14 MS. BUCK: Well, yes, I think if we do not  
15 have something put into the discussion about volume  
16 about how we are going to take those items that are  
17 important and inherent product risk and process the,  
18 you know, control, if we can't have some method by  
19 which we can identify that now is the time that volume  
20 is going to carry more weight because they've just put  
21 a new intervention in place, and we need to make sure  
22 that this intervention is working properly. Do you

1 see what I mean?

2 MR. SCHAD: I know what you're saying, Pat.

3 MS. BUCK: Yeah. So I see it, it may be a  
4 disadvantage. On the other hand, because I didn't  
5 hear the totality of the report, maybe that's already  
6 figured in there in which case, you know, it  
7 doesn't -- in which case they're already considering  
8 it. But I think that one thing that has to absolutely  
9 be defined along with the things that Barbara  
10 commented about, is what are those product records or  
11 what are those items like intervention or testing or  
12 where the product is going or, you know, is this -- we  
13 found a pathogen. We only found a small amount of it,  
14 but it's a multi-drug resistant one. So we're going  
15 to be a little more hyper about that one, than one  
16 that we are maybe not so concerned about. You see  
17 what I'm saying? We have to have those identifiers  
18 from the isolates, so that we know what's going on  
19 with these various pathogens to be used to help us  
20 determine whether or not we need to put more weight to  
21 volume.

22 MR. SCHAD: Okay. We're going to put that

1 down as a comment, Pat.

2 MS. BUCK: Okay.

3 OPERATOR: Patricia, does that conclude your  
4 question?

5 MS. BUCK: Yes, I'm finished.

6 OPERATOR: Okay. Thank you. Carol Tucker-  
7 Foreman, your line is open.

8 MS. TUCKER-FOREMAN: I'm sorry. I will pass  
9 on this one. I do have a comment when we get to  
10 question 4.

11 MR. SCHAD: Okay. Thanks, Carol.

12 OPERATOR: Ron Fouche, your line is open.

13 MR. FOUCHE: I think Pat in all due regards  
14 is mixing her metaphor. I don't know where an  
15 intervention factor has a volume unless you would see  
16 how much you could shove through a particular piece of  
17 equipment or whatever an intervention would be.

18 When we look at the risk factor, we're  
19 looking at, you know, what can the company do? The  
20 company can control volume. The company cannot  
21 control the inherent risk within a particular item  
22 that they might buy in, such as whether it's pork or

1 beef or whatever it's going to be and what they're  
2 going to do with it. But the volume side of it, I  
3 don't particularly -- I don't know if we want to go  
4 back to it. I think that's why OMB got rid of it  
5 because of all the paperwork that was required of us  
6 many years ago, like some of you have been in the  
7 business a long time. But to ask the question on  
8 occasion as to what are you doing, how much are you  
9 doing, I don't see any company in the industry, maybe  
10 some of the big guys may have a problem with that, but  
11 I think most of we small or very small people, it's a  
12 simple question we can answer off a hand. If somebody  
13 wants to exact pounds and ounces and talk about  
14 shrinkage and this kind of thing, that's a real  
15 challenge, and that doesn't really stand a place in  
16 the overall picture of volume in that. So I think it  
17 should be used, the nine figure. I think it could  
18 work. You've got to give it a chance I think. Thank  
19 you.

20 MR. SCHAD: Okay. Thanks, Ron.

21 OPERATOR: Our next question comes from  
22 Lamar Hendricks.

1           MR. HENDRICKS:       Mark, this is Lamar  
2 Hendricks, and I did have a comment about the control  
3 or the risk control for changes to the matrix. As I  
4 understood it, I thought FSIS indicated that they  
5 would change the ranking possibly monthly so changes  
6 would take effect. As far as new interventions, I  
7 think those new interventions have to be validated  
8 through the HACCP control program.

9           MR. SCHAD:   Yeah, I would tend to agree with  
10 what you just said, Lamar. I don't know if anybody  
11 else has a comment on that.

12          OPERATOR:   Lamar, does that complete your  
13 question?

14          MR. HENDRICKS:   Yes, that's it.

15          OPERATOR:   Okay. Thank you. Joel Poesa  
16 (ph.), your line is open.

17          MR. POESA:   Thank you. I just wanted to  
18 make -- coming back to the volume thing in general,  
19 and some of the comments I've heard made, I think we  
20 need to go on with that to what Janell was saying and  
21 top off, you know, the risk of exposure and what not.  
22 So the only volume that should be of concern to us is

1 that to which the consumer is exposed, that is, you  
2 know, product that's actually moved in commerce.

3           So if you start talking about what's made  
4 what shift -- what's put in cold storage, what's  
5 released.     The only thing that counts is what  
6 constitutes an exposure.   So that might -- that's just  
7 a comment that I -- with.

8           Based on that volume, you can't really use  
9 in-plant inspection records, you know, going back to  
10 question 3, what records can inspectors use.   I'm not  
11 sure that in order to do this properly, the inspectors  
12 can produce that information.   That goes back to Carol  
13 Tucker-Foreman's comment about the collections pool  
14 and OMB pool.   Now I know that USDA, the stockyards --  
15 out and, you know, it's Congressionally mandated and  
16 it's a regular thing.   Those are types of things I  
17 think that you're going to have to start addressing  
18 here to get a volume measure that's going to make  
19 sense in terms of a risk assessment decision.   So I  
20 don't really -- per se.     I'm just making an  
21 observation and I think in terms of volume in any  
22 case, you have to address those things in order to get

1 a measurement that makes sense within risk assessment.  
2 That's it.

3 MR. SCHAD: This is Mark. I'm sorry. I did  
4 not catch your name.

5 MR. POESA: I'm sorry. It's Joel Poesa.  
6 I'm a farmer for Eckridge Meat.

7 MR. SCHAD: Okay. And so you're -- I'm not  
8 trying to put words in your mouth. I'm just trying to  
9 capture your comment. Are you saying that the volume  
10 figure should come from plant management?

11 MR. POESA: Well, I think it's going to have  
12 to come from somewhere within the -- frankly, your  
13 volume is going to have to be revenue based, but if  
14 every company knows how much volume they make and we  
15 all know because that's how we make money. So, you  
16 know, anything that enters into commerce is, we gain a  
17 revenue from. That's where you're going to have to  
18 dig to get a -- and then you take all this issue of  
19 yield and shrinkage and everything out of the -- and  
20 that's your point of exposure.

21 MR. SCHAD: Yeah. Okay. Thank you. I  
22 appreciate that.

1           MR. TYNAN: Excuse me. Mark, I just wanted  
2 to give you sort of your 15-minute warning.

3           MR. SCHAD: Yeah, okay. I appreciate that,  
4 Robert.

5           MR. TYNAN: Okay. Thank you.

6           MR. SCHAD: I was curious how close we were.  
7 For the people on the phone, I wanted to make one  
8 comment here about records or changes maybe, if I can  
9 group questions 2 and 3 together here. If I remember  
10 correctly from the April 2nd meeting, the Agency was  
11 talking about collecting volume annually. And in my  
12 opinion, to me that was not often enough, and the  
13 first thing that came to mind because those of us in  
14 the industry know that a lot of products, most  
15 products are seasonal. And so that in and of itself  
16 will have a lot do with the volume. And those of you  
17 who know my operation, making just hams, you know, at  
18 Christmastime, my volume is relatively high and then  
19 in January and February it's relatively low. So doing  
20 it on an annual basis may not be the way of doing  
21 that. That's my comment on that.

22           In the interest of time, if we could jump

1 down to question 4. So that is, "Do you have other  
2 suggestions for how to factor in exposure into  
3 assessing the risk presented by an establishment?"  
4 And then maybe after about maybe 7 or 8 or 9 minutes  
5 of comment, then we'll have to maybe wrap this up  
6 somehow so I can make a presentation. Thanks.

7 OPERATOR: If you have a question, press \*1.  
8 We have a question from Carol Tucker-Foreman.

9 MS. TUCKER-FOREMAN: Thank you. I have --  
10 I'm not sure that I understand question 4 because it  
11 talks about factoring in exposure and part of this may  
12 be again that we didn't get to hear all of the  
13 presentations. But I thought we were talking about  
14 volume, and Janell's slide show showed two forms of  
15 exposure, exposure as the characteristic to a product  
16 and exposure as to the volume of the product. So it  
17 seems to me that we ought to try to be very specific  
18 that we're really talking here about volume only.

19 And I specifically I think that it's  
20 important because although FSIS makes assumptions that  
21 controlling interventions and inspection reduces the  
22 number of foodborne illnesses, we don't really have

1 any data to show that they do. We've got some  
2 assumptions that in my view increasingly are  
3 stretched. CDC said all these *E. coli* interventions  
4 have not reduced the level of *E. coli* in over a  
5 decade. We have to take that into consideration. So  
6 I think it's important that we talk specifically here  
7 today about volume rather than the particular risk  
8 characteristics. And if I'm completely  
9 misunderstanding that slide number on -- I think it's  
10 the fourth or fifth slide, it's called risk-based  
11 inspection, I need to know.

12 MR. SCHAD: Yeah, this is Mark and, Carol, I  
13 think we need suggestion -- we're having a meeting  
14 here on volume and there is nothing wrong with  
15 changing the question if we need to. So I'm the  
16 Chairperson and I'm going to stick my neck out and say  
17 let's change the question so it's based on volume.

18 OPERATOR: I'm showing no further comments.

19 MR. SCHAD: Okay. Thank you, Operator. Are  
20 there any other comments or questions in general that  
21 anybody would like to make?

22 OPERATOR: Mr. Mastracchio, your line is

1 open.

2 MR. MASTRACCHIO: Yeah, Mark, yeah, just a  
3 comment in regards to, you know, the calculation of  
4 volume that it also consider a plant's microbial  
5 interventions.

6 MR. SCHAD: Okay. Thanks.

7 MR. MASTRACCHIO: Okay.

8 OPERATOR: Carol Tucker-Foreman, your line  
9 is open.

10 MS. TUCKER-FOREMAN: I think I'm seeing part  
11 of the problem here now is that I think the industry's  
12 proposal is that volume be altered, the impact to  
13 volume be altered according to the interventions that  
14 have been taken. And I, I don't think that we've  
15 addressed that very much in our discussions of these  
16 particular points. The questions don't seem to go to  
17 that. And I want to take us back to the beginning and  
18 say that I would still think that it's useful to deal  
19 with volume as a third axis in this and try not to --  
20 and to leave the effectiveness of intervention in as  
21 relevant to product inherent risk. I've already  
22 stated my concerns about whether we really know how

1 important that is. I acknowledge that's all the  
2 plants can do but my concern is more generally about  
3 what FSIS is trying to do when we don't have that  
4 basic information. And to come back to it, I think  
5 that my bottom line out of all of this is an even  
6 stronger feeling that we should deal with volume as a  
7 third axis. Thank you.

8 MR. SCHAD: Thanks, Carol. I just want to  
9 make sure I captured that. That would be like the  
10 answer to question number 2, are the changes that you  
11 would make to each approach to make it more effective.  
12 Is that correct, Carol?

13 MS. TUCKER-FOREMAN: Yeah. Yes, it is, and  
14 I think it was suggested by several people or by a  
15 couple of people at least earlier and I just want to  
16 go back and add my voice to that.

17 MR. SCHAD: Yeah, okay. Yeah. Thank you,  
18 Carol.

19 OPERATOR: Patricia Buck, your line is open.

20 MS. BUCK: Yes, this is Pat Buck, and I  
21 didn't hear all of Carol's statement but I do concur  
22 and that's what I was going to say, is that I think

1 volume is probably a -- what I would call a living,  
2 breathing thing that is part of production. It's  
3 extremely important, and I think that to address that,  
4 we probably need to use that third axis. All right.  
5 So I actually -- that's what I was calling lastly to  
6 say.

7           Other factors that we may want to consider  
8 might be things within the Government that are giving  
9 weight of importance, like the CDC FoodNet data. I  
10 think we need to, you know, seriously look at some of  
11 these other, you know, findings from other  
12 Governmental agencies about the food system, and  
13 they're not going to have an impact, of course, just  
14 on volume, but they would certainly have an impact on  
15 our whole approach to risk-based inspection, and I  
16 think that's very, very important to take what we do  
17 know from the different agencies, different  
18 perspectives and bring them together so that we can  
19 impact on how we are, you know, developing risk-based  
20 inspection. That's more of a general comment. That's  
21 all. Thank you.

22           MR. SCHAD: Thanks, Pat.

1 OPERATOR: Heather Rolla, your line is open.  
2 Heather Rolla, your line is open. Please tap your  
3 mute button. Heather, are you able to hear us?

4 MS. ROLLA: Yes, I can hear you. Can you  
5 hear me?

6 OPERATOR: Yes, now we can.

7 MS. ROLLA: Sorry. I am from the west part  
8 of North Dakota, a teeny tiny little town, and I just  
9 have a couple of comments.

10 First, I want to concur with what Carol said  
11 earlier about volume data, but I also have to agree  
12 what she said about interventions being used. Like I  
13 said, we're a small plant, and if we're going to take  
14 into account microbial interventions that are used, we  
15 might be penalizing the small and very small  
16 establishments because these interventions are  
17 extremely costly. And I think that only the larger  
18 establishments are going to be the ones that are going  
19 to be able to benefit from those.

20 And also I'm a microbiologist at heart, and  
21 I have a concern about some comments that were made  
22 about using microbial testing data, FSIS or industry

1 or otherwise. Only a small amount of finished product  
2 is tested, and unless we've got data that tells us  
3 that there's a baseline level for each microbe on the  
4 products, I don't know how we could consider that data  
5 in the algorithm. I don't think that it's really  
6 something that should be taken into consideration. If  
7 we do 100 tests and all those tests come up negative,  
8 that doesn't mean -- that tomorrow I'm going to have a  
9 positive. But I just think that we need to be careful  
10 with that, but overall I think that FSIS is doing an  
11 extremely good job. We don't have necessarily the  
12 same kind of concerns with shortages and inspectors up  
13 here, but I think that all of the volume data, at  
14 least annual our inspectors come to us and ask us  
15 approximately per month how much product you produce  
16 and we gladly give them that information. We like to  
17 have an ongoing communication with our inspectors  
18 where everything can flow smoothly. So that's kind of  
19 my general comment on everything. Thank you.

20 MR. SCHAD: Thank you. Operator, how many  
21 people do we have queued up right now?

22 OPERATOR: Two.

1           MR. SCHAD:   If those people could be very  
2 quick, because I want to do a little bit of wrap up  
3 here.

4           OPERATOR:   Lamar Hendricks, your line is  
5 open.

6           MR. HENDRICKS: Thank you. Mark, I believe  
7 and I don't mean to be disagreeable, but I think that  
8 risk -- I don't think volume needs to be part of the  
9 inherent risk axis. I think it is a risk control  
10 measure. So in other words, it should be moved to the  
11 other axis and furthermore, I believe that volume is  
12 not necessarily a bad thing because what you do in  
13 volume is, for example, if you make hams all day,  
14 you're very familiar with that process and  
15 everything's set, it's in place, and you're running.

16           However, if you change product 15 times a  
17 day, you stand a chance to have more risks interjected  
18 in those product changeovers, through sanitation  
19 efforts, through equipment changeovers, et cetera. So  
20 I don't think it needs to be part of inherent risk. I  
21 think it needs to go to the risk control measure and  
22 so that's my comment.

1           And the other thing as far as specific  
2 records, or changes to each approach, I think the  
3 major changes need to be based on plant history of  
4 compliance, intervention, and these things are not  
5 going to automatically move from one category to  
6 another. They're going to slowly move. So it's not  
7 something that's going to happen immediately unless  
8 there's an outbreak or a for cause problem.

9           So those are my comments. Thank you.

10           MS. JOHNSON: Mark --

11           MR. HENDRICKS: Yes.

12           MS. JOHNSON: -- this is Sheila. We have  
13 people beginning to wander back in the room just to  
14 let you know where we are.

15           OPERATOR: Barbara Kowalcyk, your line is  
16 open.

17           MS. KOWALCYK: I'll be very brief, Mark.  
18 Basically I just wanted to reiterate that volume be  
19 the third axis. Also I wanted to comment on, you  
20 know, collecting volume data and -- I don't know what  
21 sort of time it would be, but I would think -- . Also  
22 something that has not been talked about, and it may

1 have changed since it changed in the algorithm, is how  
2 are they going to define, how are they going to  
3 test -- how are they actually going to use it in the  
4 algorithm? I know in the algorithm that was presented  
5 on April 2nd, they were going to take volume and  
6 actually rank plants -- the top 20 percent of the  
7 producing plants get a five, the second 20 percent  
8 would get a four and so forth, and my only comment on  
9 that is -- FSIS before is that volume is actually food  
10 distribution where you have a lot of plants using a  
11 little bit of product and a few plants a lot of  
12 product and so that's skewed distribution and  
13 basically by percentile separates plants out --  
14 uniform distribution -- you know, that need to be  
15 addressed and -- even talked about how they're going  
16 to actually compute volume and use it to define  
17 plant -- risk and that leverage.

18 MR. SCHAD: Okay. Thanks, Barb. And,  
19 Sheila, are you there?

20 MS. JOHNSON: Yes, I'm here.

21 MR. SCHAD: Okay. I assume people are  
22 walking in. I won't have time to wrap up with the

1 people on the phone.

2 Is that correct?

3 MS. JOHNSON: Yes.

4 MR. SCHAD: Okay. If it's okay with the  
5 people on the phone, I'm just going to by myself put  
6 my notes together in a presentable way and go ahead  
7 and present it. And then after my presentation, if  
8 anybody has any comments or questions, maybe I didn't  
9 reflect what was said during our conference meeting  
10 here, you can do it at that time.

11 So if I say anything is not correct, I'm  
12 going to apologize right up front and thank you for  
13 all your comments. I know this wasn't the easiest way  
14 of having a committee meeting, but thank you all, and  
15 I appreciate it.

16 MS. JOHNSON: Mark, this is Sheila again.  
17 Would you want to be the last to report? That will  
18 give you a chance to write your notes up.

19 MR. SCHAD: I appreciate that, Sheila.

20 MS. JOHNSON: Say that again?

21 MR. SCHAD: Yes.

22 MS. JOHNSON: Okay. I'll let Robert know.

1 MR. SCHAD: Okay.

2 (Whereupon, at 11:45 a.m., the meeting was  
3 concluded.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

C E R T I F I C A T E

This is to certify that the attached proceedings  
in the matter of:

PRODUCTION VOLUME AND ITS ROLE

IN RISK-BASED INSPECTION

A CHARGE FROM FSIS: QUESTIONS FOR

CONSIDERATION IN BREAKOUT SESSIONS

CONFERENCE CALL BREAKOUT

Arlington, Virginia

April 25, 2007

were held as herein appears, and that this is the  
original transcription thereof for the files of the  
United States Department of Agriculture, Food Safety  
and Inspection Service.

---

DOMINICO QUATTROCIOCCHI, Reporter  
FREE STATE REPORTING, INC.